

Referenced Documents Submitted (see attachments)

Links to other referenced documents:

- <http://www.duke-energy.com/pdfs/duke-energy-ash-metrics.pdf>
- <http://www.greenvilleonline.com/story/opinion/editorials/2015/01/06/editorialduke-moves-forward-coal-ash/21350977/>
- <http://www.wsoctv.com/videos/news/coal-ash-at-asheville-airport-could-beexample-for/vCT5Wr/>
- <http://www.duke-energy.com/pdfs/asheville-excavation-fact-sheet.pdf>
- <http://www.energy.sc.gov/files/view/SCEG2014IRP.pdf>
- http://www.myhorrynews.com/news/local/conway/article_eb3396ea-5228-11e3-840f-0019bb30f31a.html
- <http://dms.psc.sc.gov/matters/matters.cfc?Method=MatterDetail&MatterID=252680> (Note: 9-23-14 Duke *ex parte* briefing in ND-2014-28-E - transcript also provided as pdf file by SELC)